

STATE WATER RESOURCES CONTROL BOARD

PUBLIC WORKSHOP

REGARDING JOSEPH SAX'S REPORT ON THE
LEGAL CLASSIFICATION OF GROUNDWATER

THURSDAY, APRIL 11, 2002

10:30 A.M.

ONTARIO CONVENTION CENTER

ONTARIO, CALIFORNIA

REPORTED BY:

ESTHER F. SCHWARTZ
CSR 1564

CAPITOL REPORTERS (916) 923-5447

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

STATE WATER RESOURCES CONTROL BOARD:

PETE SILVA, VICE CHAIR

STAFF:

LEWIS MOELLER
PAUL MURPHY

COUNSEL:

ERIN MAHANEY

AUDIENCE:

TOM BUNN
STEVE BACHMAN
ARTHUR KIDMAN
MICHAEL FIFE
WES STRICKLAND
RAY WELLINGTON
STACEY ALDSTADT

---oOo---

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ONTARIO, CALIFORNIA

THURSDAY, APRIL 11, 2002, 10:30 A.M.

---oOo---

MEMBER SILVA: Good morning. Thank you for coming, and welcome to the State Board's workshop on Professor Sax's report on the legal classification of groundwater. As you know, we had one yesterday in Sacramento. I'll talk a little bit later about the results of that hearing.

The staff today with me are Paul Murphy, Associate Engineer and Geologist; Lewis Moeller, Senior Water Resource Control Engineer; and Erin Mahaney, Staff Counsel.

I do want to first start by thanking Dr. Sax. I'm assuming that all of you have read the report. Also I want to thank the people of the technical committee that helped out, see a couple committee members here, for their efforts in putting the report together. The purpose of today is to receive public comments on Professor Sax's report. This is an informal workshop. There is no sworn testimony or cross-examination of the participants. The Board will not take any action at this workshop, obviously, and we are not here to express an opinion on the report itself.

I will be the only Board Member today. Chairman Baggett had to stay in Sacramento, further pressing business, so I am it today. And I will be asking questions as we move along, and try to get as much different

1 information as we can. I'll go over what we talked about
2 yesterday in Sacramento.

3 A court reporter is present, will make a transcript of
4 the statements made at the workshop. If you want copies of
5 the transcripts, please make arrangements directly with
6 her.

7 And before you give your comments if you can state your
8 name, address and affiliation so she can put that
9 information into the transcripts. If you have business
10 cards, it is a lot of easier for her to put that information
11 in her record.

12 Also, yesterday we commented that if you have any
13 written comments that you haven't submitted or you already
14 have submitted, what we want to do is post them all on our
15 website. So we are asking for anybody that has electronic
16 formatted comments, if you can get them to us, it will be
17 easier on our staff to post them on the Internet.

18 As you know, a little bit of the history, those of you
19 may or may not know, we started this process way back more
20 than two years ago when we had a little case called the
21 Pauma Pala decision that we are trying to put out. It
22 caused a lot of controversy. So the Board decided at that
23 time to take a time-out, to look at if there was a way to
24 better classify subterranean streams and to be able to give
25 us a better handle on how to address those issues.

1 So the Board went out, and with the help of
2 stakeholders we selected Dr. Sax to do a report on the legal
3 classification of groundwater. At that time we felt there
4 was a fairly focused request, although, I think, given the
5 comments, I think probably went beyond the scope of what we
6 thought was originally going to be contained in it. Besides
7 that, I think it was a well-done report. We got a lot of
8 good comments on it even though people don't like the
9 recommendations. They say they like the content and the
10 work that was done on it. That is where we are. That is
11 how we got here today.

12 Yesterday we had a workshop in Sacramento. We probably
13 had probably three times the number of people there. I
14 think most of the law firms are up there, so we had a lot
15 more people show up. I can tell you the vast majority of
16 the people commented on the fact that even though it was a
17 good report, they wanted the Board to do nothing with the
18 report. They felt -- they definitely did not want the
19 Board to adopt the recommendations. In fact, a couple
20 commenters wanted us to take official action not to sanction
21 the report or to say we were against the recommendations.
22 That was most of the technical and legal aspects of it.

23 The legal aspects are very clear. The people are
24 concerned about what they saw are potential for overreaching
25 authority by the Board. On the technical side, being an

1 engineer, I was hoping that there was some way we could come
2 up with at least some technical parameters for
3 classification. Even in that, a lot of the commenters felt
4 there was very little we could do to come up with some
5 standards or measures that would give us coverage for all
6 projects. Everybody felt it was better to continue on a
7 case-by-case basis.

8 So, in essence, we got a resounding vote of confidence
9 in our process, de facto I think.

10 Now there was some suggestions. A couple of people
11 felt that perhaps we could tweak the process, not the legal
12 frameworks, but perhaps the way that we receive petitions,
13 the way that we review petitions and make decisions.
14 Perhaps there was a way that we can tweak that process.
15 Nobody had any specifics on it.

16 There was also only one person that came up and said
17 perhaps there was a potential for coming up with some very
18 broad parameters on classification of groundwater. Again,
19 no information, but they felt perhaps we could structure
20 something.

21 The environmental groups that showed up, obviously,
22 wanted the Board to do something. They felt the Board was
23 not doing enough. They felt that this report was a way to
24 get started on that effort. They and Fish and Game,
25 specifically, liked the idea of an impact test, as you can

1 imagine. And that was about it.

2 Again, it was resounding, I think, I'll take it on the
3 positive side, a very resounding vote of confidence in our
4 process. Nobody wants us to change it.

5 So, I will leave it at that. If you have any questions
6 when you come up on what they said, you can ask me. But,
7 again, that was all the overall consensus, I think. I
8 personally was expecting the legal side of it although I was
9 disappointed that we couldn't come up with some technical,
10 at least some technical definitions for groundwater. But I
11 understand the issues. It is very complex. I understand
12 that that perhaps is left to case-by-case basis. But,
13 anyway, those were the comments we received.

14 Again, I want to make it clear, we are, obviously, it
15 is just taking comments at this point. We are not even sure
16 what we are going to be doing down the road on this matter,
17 but we will let you know. As I mentioned, we are going to
18 post all the comments from everybody on the website to give
19 you an opportunity to get a flavor of what everybody else
20 said.

21 With that, why don't we get started with comments.

22 First, Mr. Steve Bachman and Tom Bunn from ACWA.

23 MR. BUNN: Thank you. I am Tom Bunn. I am an
24 attorney with the law firm of Lagerlof, Senecal, Bradley,
25 Gosney & Kruse in Pasadena, 301 North Lake Avenue. And I am

1 here speaking on behalf of ACWA. I am a member of ACWA's
2 Groundwater Committee, and I have been involved since the
3 Pauma Pala matter in formulating ACWA's response to the
4 whole process.

5 I certainly agree that a vote of confidence is in
6 order, not only for the State Board's existing process but
7 for the process that you went through in coming here today.

8 CHAIRMAN BAGGETT: Thank you.

9 MR. BUNN: In selecting Professor Sax and in
10 determining that this required a little bit more of a global
11 look than just looking at the Pauma and Pala Basins. I also
12 think, as did many apparently yesterday, that Professor Sax
13 did a terrific job of gathering the information that which
14 is relevant and summarizing it. And it is a very well
15 written piece. You are right that we disagree with his
16 recommendations at the end. But the document is,
17 nevertheless, very useful in evaluating both where he wants
18 to go with it and where we want to go with it.

19 MEMBER SILVA: Right.

20 MR. BUNN: I know that you did hear from ACWA
21 yesterday. I imagine that I am going to be duplicating a
22 little bit and I apologize for that, but I'm pretty sure
23 that you are going to get a different flavor from me and Dr.
24 Bachman today.

25 I want to start out by addressing something that you

1 said in your opening remarks that people said there was very
2 little that the State Board could do in terms of quantifying
3 recommendations to improve the standard. I don't believe
4 that is the case. That is not our feeling.

5 Our feeling is there is a lot that the State Board can
6 do in order to make more precise within the framework of a
7 subterranean stream, which as you know, we proposed that you
8 keep. There is a lot that you can do in terms of modern
9 groundwater hydrology to make that test more precise and use
10 that additional information in determining whether there is
11 a known and definite channel. And Dr. Bachman, I'm going to
12 let him speak mostly to that, because he wrote the appendix
13 to our written comments, in which he outlines how those
14 factors can be brought to bear.

15 ACWA is very interested in this whole process for two
16 reasons. One is that we are very interested in groundwater
17 management, and we want to make sure that the groundwater
18 management efforts, the local groundwater management efforts
19 that are going on, are allowed to continue to go on.

20 The other one is that our members, many of ACWA
21 members, do get their source of supply from groundwater and
22 many of them are pumping groundwater without having obtained
23 a permit from the State Board, and we were concerned about
24 the investment that had been made in that process and not
25 upsetting the apple cart there.

1 In that regard we, and I personally, appeared at the
2 hearings on the Pauma Pala case and argued that that draft
3 decision was an extension of the bed and banks test, the
4 subterranean stream test that was not warranted by the facts
5 of those cases. We have appeared at the Board workshops
6 since then, including the first one about subterranean
7 streams. And in that one we acknowledged that there were
8 two different approaches that can be taken. We talked about
9 an impact test and we also talked about bed and banks.

10 And at the time we indicated that from a policy
11 standpoint that both of those had things to recommend them.
12 But we ended up concluding that the bed and banks test
13 should be retained but that it should be supplemented by
14 modern science.

15 Since that time and reading the Sax report, we have
16 concluded, and as much from a legal standpoint as a policy
17 standpoint now, that the impact test alone would be an
18 unwarranted change in a system that does work for the most
19 part now.

20 The statute talks about subterranean streams.
21 Professor Sax's report demonstrates that the Legislature at
22 the time that it enacted that statute was aware of the
23 connection between groundwater and surface water. And that
24 they nevertheless determined to put in a very narrow scope
25 of state permitting over underground water, such that hardly

1 any groundwater would come under the state's permitting
2 jurisdiction. But they did that by incorporating this
3 subterranean stream language.

4 Despite Professor Sax's research about what the intent
5 of some of the drafters may have been, the fact is that they
6 started out with some language that could have more easily
7 denoted impact test and they went away from that and they
8 wound up with subterranean stream type of language. We
9 think that that was not an accident. We think that you can
10 recognize that groundwater and surface water are an
11 interconnected resource, which we do, without jumping from
12 that to the conclusion that any groundwater, the pumping of
13 which effects surface water, is necessarily within the State
14 Board's jurisdiction.

15 This is basically where at least I feel that Professor
16 Sax went wrong. In the very beginning of his introduction
17 he concludes that the notion of a subterranean stream
18 channel is not in accordance with modern science and that a
19 test based on that is meaningless. Uses the word, I
20 believe, meaningless. That is not how we view it.

21 We take the same premise that groundwater and surface
22 water are connected. We don't argue with that. But we
23 nevertheless feel that the bed and banks test has an
24 application in what we are doing now, what the State Board
25 is doing now.

1 And I am going to let Dr. Bachman amplify how modern
2 science can be used in that test. The only other thing that
3 I wanted to mention is that ACWA feels very strongly that
4 the presumption should be retained, that water from under
5 the ground is percolating groundwater and that it not be
6 determined to be subject to State Board jurisdiction unless
7 it is proven to be so by clear and convincing evidence

8 MEMBER SILVA: Can I ask you something about that?
9 Yesterday, I forgot to say, one commenter also made the
10 point that with respect to process also that whoever is the
11 applicant or the petitioner should bear the burden of proof.
12 And they suggested that we look at where the burden of proof
13 goes and, obviously, that is where the cost is going to be.
14 It was something you might think about. As far as process,
15 perhaps we want to tweak the process, how we can look at
16 that issue.

17 MR. BUNN: Yes, and I agree with that. I think that
18 that is not a change from existing law. That at least in
19 theory the person contending there is an underground stream
20 has always had that burden of proof. As to cost, I will let
21 Dr. Bachman give his impression of how much it would cost to
22 prove that one way or the other. And I am sure it differs
23 in various cases.

24 MEMBER SILVA: I am sure it does. That is why it is a
25 big deal.

1 MR. BUNN: So I want to conclude by emphasizing, again,
2 that we do think it is possible for the State Board to give
3 direction, interpretive direction, to how to determine
4 whether there is a subterranean stream or not.

5 I am not going to say right now what form that
6 direction should take, whether that is regulations or some
7 kind of interpretive direction to staff or how that should
8 work. But I do think it is not just an open ended standard.
9 At the same time I support that it should be done on a
10 case-by-case basis because it is not numerical directions
11 that you want to give.

12 MEMBER SILVA: One thing we got into yesterday a little
13 bit was the common sense test. And my only concern with
14 that is I told them that somebody's common sense could be
15 different from somebody else's.

16 MR. BUNN: I don't personally go along with ACWA in
17 using a common sense test. I think that is too vague, and I
18 think that, frankly, we've set forth some better ways to do
19 it than just using common sense.

20 MEMBER SILVA: To be clear, so what you're saying is
21 the bed and bank test is okay; it is just that we have to
22 implement better technology now?

23 MR. BUNN: There are technical ways for determining
24 whether there are bed and banks in a subterranean channel
25 and whether it meets the test that is set forth in the

1 statute.

2 I have another thought. I've forgotten it.

3 Thanks.

4 MEMBER SILVA: We are going to be informal today.

5 There is not that many people.

6 DR. BACHMAN: Hi, I'm Steve Bachman. I'm also
7 representing the Association of California Water Agencies.
8 I am the chair of the groundwater committee for ACWA. This
9 has, obviously, been one of the big uses that the
10 groundwater committee has been looking at. I am also on or
11 was on, I am not sure if we are still active or not, the
12 State Board's technical advisory committee to Professor
13 Sax.

14 MEMBER SILVA: That is a good question. I have to look
15 into that.

16 DR. BACHMAN: We haven't had a meeting since it came
17 out.

18 MEMBER SILVA: By the way, we do appreciate your
19 efforts in that. Appreciate it.

20 DR. BACHMAN: This was a difficult proposition, I
21 think, for technical people. And I think we've gone down
22 several roads looking at this one. One of the things that
23 we started with, I think, was that bed and banks were pretty
24 obvious. The geometry of bed and banks are pretty obvious
25 when you're in a narrow canyon or in some situations where

1 you could have the stream has been insized into older rock.
2 At that point I think we all felt fairly comfortable.

3 What we looked at first in the technical advisory
4 committee then was what happens when that channel that is a
5 pretty known channel in, say, the entrance or exit to a
6 basin, what happens when the stream then flows into the main
7 part of the basin. And I think that we pretty much all
8 agreed with work that was done by the Arizona Department of
9 Water Resources. Arizona's gone through the very same kind
10 of discussions that we have done, that we have been going
11 through here in California. And it was pretty much agreed
12 that bed and banks pretty much disappear when you get into
13 the basin. And the reason for that is most basins that have
14 a stream flowing over the top of them, the sediments in the
15 basin can be largely constructed of the older parts,
16 deposits from the older portions of that stream.

17 And so you start getting this thing where you don't
18 have any kind of known bed and banks engines anymore. And
19 we thought that was a problem at first. I see it now as an
20 advantage. The advantage being that when you follow what
21 the attorneys are telling us, that if you don't have a known
22 and definite channel, then legally it doesn't exist. I
23 think from the standpoint of science we can tell in probably
24 90 percent or more of the cases when we do have a known and
25 definite channel.

1 Now how do we go about doing it? And I am not going to
2 bore you with the details, but the Appendix B portion that I
3 wrote that is in the report has a number of factors that
4 need to be looked at. You know, when I first took this task
5 on I suggested to Professor Sax that we could potentially
6 have a series of tests. I tried to make it something as
7 much as a cookbook as possible, and it became very
8 difficult. This is geology, and it is very difficult in the
9 real world to have a cookbook that is going to work in every
10 place.

11 I've really evolved to the point of thinking that you
12 really need to do it the same way we look at science, and
13 that is that you look at a number of factors and you
14 determine which ones give you the strongest evidence. And
15 some of this evidence is information that is readily
16 available in a basin. Some of it is not as readily
17 available. Obviously, some basins have lots and lots of
18 information and some don't. Carl Hauge, chief
19 hydrogeologist for the Department of Water Resources, when I
20 worked on this problem, he was also on the advisory panel;
21 and what we did was we looked at several basins in
22 California with kind of these things in mind to try to see
23 whether we had the available information, whether the
24 available information was enough to tell. And we found that
25 in many cases you could eliminate large areas of a basin of

1 having anything associated with known bed and banks. Some
2 of the criteria just knocked it out. We usually were left
3 then with a smaller area. I don't think, even when there
4 isn't all the data you want, you can still eliminate most
5 areas. Then you are left with a smaller area.

6 And at that point probably the most definitive tests
7 are ones in which you can actually detect the bed and banks
8 in some way. Detecting it either by drilling directly
9 through the bank and seeing that you have very impermeable
10 material that would make up the bank while inside the
11 channel you have very permeable material. You can tell it
12 directly potentially from drilling. Whether or not you
13 have a well there, preexisting well there, of course, is the
14 data that you may or may not have.

15 Once you have wells, besides actually being able to
16 tell from the type of sediment or type of material that you
17 encounter, you can also then do some tests by pumping the
18 well, commonly known as aquifer tests for geologists. And
19 we think that that would be, given the fact that you
20 isolated a particular area and you are trying to test for
21 bed and banks, there are some direct tests you can do with
22 these pumping tests, these aquifer tests. And they have to
23 do mostly with once you start pumping the well, and you have
24 a drawdown starts to reach out, if you are inside the
25 channel itself and the drawdown reaches out and hits one of

1 the banks and these are impermeable banks, you are going to
2 have a definite effect that you can see in the pumping
3 test. Conversely, if you are on the bank itself,
4 you should have very low yield out of that. It should be
5 quite different than what is in the well. And if you -- and
6 the low yield is probably the main indicator of that.

7 So, we think that even when you get into or when you
8 get into the actual bed and banks, there are specific tests.
9 There are also other ones we suggested, the ones you use
10 first. Obviously, if the groundwater and surface water are
11 not directly connected, you would have no effect on doing
12 any kind of pumping. In fact, the channel itself, you
13 couldn't have a channel that was connected to surface water
14 if, in fact, what you think may be a channel doesn't have
15 hydraulic continuity. I have gone through that in detail in
16 this. We do believe that there are criteria.

17 I think the most important thing is that after you have
18 done all the analysis, it should be clear to a reasonable
19 technical person that you can see something that is related
20 to bed and banks. If you don't see it, then I think legally
21 you have to say it is not there. I think that is what makes
22 it easy. It is either something that you can get technical
23 people to agree that there is, in fact, evidence there. Or
24 if they do not agree, then it is not known and definite.
25 Known to me means that people, technical people have seen

1 it. If you don't see known and definite, then the channel
2 doesn't exist.

3 In some ways if you keep to a relatively restricted
4 definition that way, then I think it keeps you definitely
5 out of trouble.

6 The last point I would like to make is that there is
7 quite a bit of technical information that can go into this,
8 and we would be more than willing to sit down with staff and
9 talk about some of this and go through some of it and have
10 some give and takes, and whatever. I think it might be
11 useful to everybody.

12 MEMBER SILVA: That is really the next step. To be
13 honest with you, the Board hasn't really decided how we are
14 going to proceed. First to get the comments and then see
15 what makes sense.

16 I appreciate your work so far and your offers.

17 DR. BACHMAN: Thank you.

18 MR. BUNN: Thank you.

19 MEMBER SILVA: Art Kidman.

20 MR. KIDMAN: Good morning.

21 MEMBER SILVA: Morning.

22 MR. KIDMAN: I got here this morning and realized that
23 I left my reading glasses at the computer where I wrote what
24 I wanted to say today last night. Fortunately, I had a pair
25 in the car. That is why I slipped out while Mr. Bunn was

1 speaking.

2 My name is Art Kidman. I am with the law firm of
3 McCormick, Kidman & Behrens. We are in Costa Mesa.

4 I want to thank the Board for the opportunity to
5 present views in regard to this very important subject. I
6 have worked in the field of water resources for nearly 30
7 years and have been involved in subterranean stream issues
8 in a variety of contexts throughout my career. I did
9 represent one of the parties in the Pauma Pala case, which,
10 as you have already alluded to, lead directly to where we
11 are here now today. However, I am not representing that
12 party or any other client before you today. My comments are
13 submitted as a member of the public and hopefully one who
14 has some informed views on the subject. And I hope to be
15 able to influence the Board in the proper administration of
16 its jurisdiction and of justice.

17 I believe that Mr. Sax's efforts are to be commended
18 and his final report is a substantial contribution to
19 scholarship in this difficult subject area. I prefer Mr.
20 Sax's formulation of guidelines for the exercise of the
21 Board's groundwater jurisdiction to the formulation that is
22 set forth in the Board's draft opinion in the Pauma Pala
23 case. In other words --

24 MEMBER SILVA: I am not sure that is good or bad.

25 MR. KIDMAN: Whatever we think about Sax, it is better

1 than where we were in Pauma Pala. However, neither approach
2 is supported in law. And the Board's adoption of either one
3 of them will almost certainly engender legal conflict and
4 confusion.

5 Mr. Sax's approach, while laudable for its practical
6 and analytical simplicity, is not supported in statute or
7 Board precedent. His approach would very likely merely
8 shift the focus and locus of the inquiry from the
9 traditional bed and banks inquiry to his new impacts inquiry
10 without reducing the number of depth or breadth of
11 conflicts. There is no authority in Water Code Section 1200
12 or any other California statute for the formulation
13 suggested by Mr. Sax.

14 Of equal importance in my view to the question of what
15 the Board does on this subject is how the Board chooses to
16 go about doing it. Having come this far with a relatively
17 open and public discourse following the controversy created
18 in the draft Pauma Pala decision, the Board should choose
19 now either, one, to abandon the expansive vision of its
20 jurisdiction formulated in either the draft Pauma Pala
21 decision or in Mr. Sax's final report and return to the
22 confines of the Board's prior precedent as has been
23 articulated in the comments of the Association of
24 California Water Agencies, the written comments that are
25 dated April 10 and 11.

1 So either abandon an expansive approach or, two, embark
2 on a formal rule making procedure subject to the
3 requirements prerequisite to the adoption of formal
4 regulations. The Board most not depart from current
5 understandings of its jurisdictional limits within the
6 confines of determining the Pauma Pala case or any other
7 case. The process should be more open, public,
8 participatory and iterative if there is going to be a new
9 rule established.

10 As we know, once a case is pending, the ex parte rules
11 come into effect and only those parties that offer a notice
12 of intent to appear really have standing to speak to the
13 issues in the particular case that is before the Board. On
14 an issue that has such broad impact to many, many
15 individuals, water right holders and areas of California,
16 the context should not be within a narrow case or
17 controversy. The context needs to be quasi legislative, not
18 quasi judicial.

19 In the interest of honoring the Board's request to
20 avoid redundancy, I incorporate and endorse the comments of
21 the Association of California Water Agencies dated April 10
22 and 11. I incorporate them, endorse them in my comments and
23 commend those views along with those that I have expressed
24 to the Board's consideration.

25 MEMBER SILVA: Can I ask you just a --

1 MR. KIDMAN: Sure.

2 MEMBER SILVA: Thanks for your comments. I don't think
3 right now the Board is leaning anywhere near towards
4 adoption of regulations. I think, given the comments we've
5 gotten, I guess what we were looking at also, beginning with
6 the comments we got, the things we are looking at perhaps
7 may be tweaking the system. I don't know if you have any
8 comments just on process. We got some minor comments about
9 maybe possibly looking at improving the process of
10 adjudicating those subterranean streams. I don't know if
11 you have thoughts on that. If you do, either if you can get
12 them to us later. Have any thoughts now?

13 MR. KIDMAN: The comment was made earlier about common
14 sense for not necessarily being common sense for another. I
15 suspect that one person's tweak is another person's major
16 overhaul. I would say that the idea of going go out to the
17 bedrock confines of a valley, going out to the hills that
18 form the boundaries of an alluvial valley and seeing that
19 that bedrock forms a bed and banks, is of a sufficient
20 departure that I would hate to see that happen simply within
21 the confines of the Pauma Pala case or any other.

22 That particular rule has caused or the proposed rule or
23 formulation of the Board's jurisdictional limits has caused
24 great controversy as you have seen. Most of us have a hard
25 time understanding how any groundwater basin will exist

1 outside of the Board's jurisdiction if that rule is
2 adopted. I think that may be the sky is falling kind of
3 comment, but still it's real hard to figure out where you
4 draw the line. The whole of the Sacramento Valley, the
5 whole of San Joaquin Valley, all of the big alluvial valleys
6 in California would seem to fall within that kind of
7 definition of groundwater jurisdiction for the Board.

8 I think Mr. Sax is quite clear that whether or not the
9 idea of bed and banks and subterranean stream mean anything
10 in today's scientific world, regardless of that, the
11 Legislature intended it to mean something at the time that
12 it was adopted. And one of the things that it seems very
13 clear from Professor Sax's report is that it was intended
14 that broadly speaking groundwater in California would be
15 outside of the jurisdiction of the State Water Resources
16 Control Board or its predecessors. And there have been
17 several rather serious attempts, as he points out over the
18 years to change that, to bring -- to make groundwater
19 subject to the jurisdiction, regulation, management of the
20 State of California to a greater extent than it might be
21 today. And the Legislature has rejected every one of those
22 attempts.

23 So what I continue to request here is that if we are
24 going to go anywhere like that, that that is not a judicial
25 function, not a quasi judicial or administrative function.

1 That is a rule making function, and one which really needs
2 to have that kind of open process and the review of the
3 Office of Administrative Law.

4 MEMBER SILVA: That we have. We got it loud and
5 clear.

6 Thank you.

7 Michael Fife.

8 MR. FIFE: My name is Michael Fife. I am with the law
9 firm of Hatch & Parent in Santa Barbara. I will actually be
10 presenting comments today on behalf of three separate
11 entities: the Chino Basin Water Master, the Southern
12 California Water Company and Great Spring Waters of
13 America.

14 Each of those entities has submitted a letter to the
15 State Water Resources Control Board, and our comments,
16 though distinct, are similar enough that they can be
17 presented in one coherent presentation. So that is what I
18 am doing though I do want to emphasize that each entity has
19 provided their own set of comments and the comments I am
20 presenting are those --

21 MEMBER SILVA: I don't remember seeing those. Did we
22 get those?

23 MS. MAHANEY: We have two, but I remember seeing Great
24 Spring.

25 MR. FIFE: We submitted those in the last day or so. I

1 do have copies that I will provide.

2 MEMBER SILVA: I do remember seeing Chino Basin.

3 MS. MAHANEY: I haven't seen the others.

4 MR. FIFE: Late yesterday, early this morning.

5 MEMBER SILVA: Go ahead.

6 MR. FIFE: I'd like to say first, welcome to the Chino
7 Basin. You are in the Chino Basin right now. We provided
8 an aerial map just in case for your own edification.

9 MEMBER SILVA: I've actually gotten two tours in the
10 last six months, so I've been out here fairly frequently
11 actually.

12 MR. FIFE: Well, I want to emphasize the physical
13 layout of the Chino Basin because, first, none of the
14 groundwater in the Chino Basin flows in what would be
15 traditionally identified as a known and defined channel,
16 though the general gradient of the basin does produce a
17 gradual movement of basin water from San Gabriel mountains
18 at the northern end of the basin down to Prado Reservoir
19 which is at the southern end of the basin.

20 Under the State Water Resources Control Board's
21 historical application of the known and defined channel
22 standards as the underflow of the surface stream, none of
23 the Chino Basin would fall within the jurisdiction of the
24 Board. However, the many municipalities, special districts
25 and private water users in the basin are concerned about a

1 possible trend by the Board to expand the traditional reach
2 of its authority in a way that would encompass basins such
3 as the Chino basin.

4 The Chino Basin watermaster is here today to present
5 this concern by all the entities. The Chino Basin
6 watermaster is a collaborative entity who was created in
7 1978 by the judgment in the Chino Basin Municipal Water
8 District versus the City of Chino to administer the terms of
9 the Chino Basin Judgment and to assist the court in
10 exercising its continuing jurisdiction.

11 The 1978 judgment created a comprehensive governing
12 structure to manage the water resources in the basin in a
13 manner that is protective of rights of the individual
14 parties who use the water in the basin as well in a manner
15 that is protective of the public trust resources of the
16 basin. The adjudication of the Chino Basin was, in fact,
17 one of the adjudicated basins which was highlighted in
18 William Bloomquist's book which was cited with approval in
19 Professor Sax's report and, in fact, the watermaster's
20 comments today, I guess, are slight departure from the
21 tenure of the comments that you received yesterday as you
22 described them earlier. Because we are quite happy with at
23 least recommendation number three from Professor Sax's
24 report, where he says that comprehensive basin
25 adjudications, such as the Chino Basin adjudication, are

1 perhaps the best way to manage groundwater resource.

2 MEMBER SILVA: First one I've gotten right?

3 Go ahead. Sorry.

4 MR. FIFE: Our only comment then is to emphasize this
5 recommendation and to provide a further recommendation for
6 how this recommendation should be implemented.

7 The watermaster in its 23 years of existence has
8 undergone a gradual evolution and change which has involved
9 the expenditure of time and resources by all parties in the
10 Chino Basin. As you can see from this map, that is quite a
11 few parties. It includes several large cities, such as
12 Ontario, Pomona, Upland, Chino, Chino Hills, Fontana. There
13 also includes water districts like the Cucamonga County
14 Water District, Monte Vista Water District, other special
15 districts through community services district, and then all
16 the agricultural users, non agricultural users.

17 MEMBER SILVA: I know we spent quite a bit of money
18 down there, too, on Prop 13.

19 MR. FIFE: Right. And Proposition 13 is assisting the
20 implementation of what is called the Optimum Basin
21 Management Plan, which is basically the physical solution
22 which was mandated under the 1978 judgment.

23 The parties over this 23 years have -- one of the
24 things that he worked so hard to do is to develop a proper
25 institutional government structure. Many agreements are in

1 place, such as an agreement known as the Peach Agreement,
2 which we spent many months negotiating in order to make
3 possible the implementation of the OBMP. We have rules and
4 regulations which govern how the watermaster will function.
5 The parties are divided into pools which works into an
6 overall decision-making structure where any management
7 decision must go through what is called a pool process where
8 all three pools must approve the decision, send it to an
9 advisory committee which must then send it on to a Board
10 which is the ultimate decision-making authority. It is a
11 very complex structure in subtle institutional structure
12 that has grown up over the past 25 years.

13 And it is impossible to determine what affect an
14 assertion of Board jurisdiction would have on this process.
15 So the Chino Basin -- we would hate to see this process
16 disrupted at this late date when it is moving forward,
17 implementation of the OBMP is going. As you said,
18 Proposition 13 funding has been dedicated to moving this
19 forward. We would hate to see an assertion of Board
20 jurisdiction really in any way upset this process.

21 MEMBER SILVA: I don't see any danger of that
22 happening. Take your comment.

23 MR. FIFE: So that moves to a broader comment which I
24 guess I will move straight to Southern California Water
25 Company's comments because they tie into this.

1 The Southern California Water Company is publicly a
2 public utility commission regulated entity which is
3 responsible for meeting the water supply needs for more than
4 240,000 customers accounts, or one out of 30 Californians.
5 To satisfy these water supplies demands in a reliable
6 efficient manner, Southern California Water Company has
7 worked in coordination with state, regional and local
8 agencies across California.

9 In fact, Southern California Water Company is the
10 retail service arm for 75 California cities. Southern
11 California Water Company has invested literally tens of
12 millions of dollars in groundwater production facilities
13 that represent the primary and in some cases the sole water
14 supply for its customers. The company recognizes that
15 ability to continue to beneficially use its water resources
16 is dependent upon the success of the management institutions
17 administer the use of water to reduce conflicts.
18 Accordingly, as there has not been any state agency so far
19 with comprehensive permitting or regulatory authority over
20 groundwater the company has invested millions of dollars in
21 developing consensus-based groundwater management efforts.
22 Where it has not been possible to achieve such consensus,
23 the company has pressed forward to protect the interests of
24 its customer and ensure reliable water supplies that can be
25 managed on a sustainable basis. That is why this dovetail

1 to the question Chino Basin adjudication because the company
2 has participated in many adjudications throughout California
3 and is, in fact, currently pressing forward to develop an
4 adjudicated solution to groundwater problems in the Santa
5 Maria Basin.

6 Given the company's historic reliance on groundwater
7 and its participation in regional and local groundwater
8 management efforts, it should come as no surprise that it
9 has a strong interest in question of whether groundwater is
10 within the jurisdiction of the Board. If the Board by
11 interpretation or administrative regulation should conclude
12 that existing groundwater production facilities are subject
13 to the Board's permitting authority, the cost to reliability
14 of the company's water supplies can be severely
15 jeopardized. Moreover, its efforts over the past several
16 decades to participate in comprehensive management efforts
17 such as adjudications or by other special agency
18 administrative solutions, such as, for example, the Ojai
19 Basin Management Act could be frustrated.

20 The company has produced percolating groundwater for
21 more than a hundred years. Its groundwater supplies have
22 laid the foundation for local agency land use approvals, for
23 regulatory decisions of the Public Utilities Commission and
24 for court determinations regarding relative rights of
25 producers.

1 As I said, in many cases the company now produces water
2 under the administration of watermaster adjudicated basins.
3 In other areas it has participated in the development and
4 special legislation designed to provide added regulatory
5 power over groundwater, for example the Ojai Basin
6 Management Agency. It has also participated in consensual
7 programs through Water Code Section 10750 and in Orange
8 County has supported the successful management of the Orange
9 County Water District. Because of this, the company would
10 like to emphasize again recommendation number three of
11 Professor Sax, but it would like to highlight to the Board
12 that adjudicated basins are not the only way that
13 groundwater is being successfully managed in the
14 state. There are also these other methods that I mentioned,
15 such as special legislation, Water Code Section 10750 and
16 others. Southern California Water Company participates in
17 all of these.

18 And so, in commending Professor Sax for his
19 recommendation number three we would also like to recommend
20 to the Board that if they go ahead with implementation of
21 this that they not only provide an exception for adjudicated
22 basins but also an exception for these other management
23 efforts, what we might call qualifying management
24 efforts, and to provide an across the board exception for
25 groundwater production within these areas.

1 However, because Southern California Company also has
2 water production facilities that are not in such qualifying
3 management areas, the company would also like to recommend
4 that however the Board decides to move forward with
5 Professor Sax's report, if it does so at all, would be to
6 recommend that the Board adopt a grandfathering-type
7 structure which was adopted when the Water Code was first
8 adopted in 1914, creating permitting authority over surface
9 water streams. And that is to grandfather all previous uses
10 of surface water and only made the permitting authority
11 applicable on a going forward basis.

12 MEMBER SILVA: I think that far end rests on this one.

13 MR. FIFE: However, the Board continues to move
14 forward those two recommendations are very important to the
15 Southern California Water Company. But as you move forward,
16 we know that there will need to -- again, if you move
17 forward, there will need to be a continuing stakeholder
18 process to develop applicable procedures, technical criteria
19 and such things. And Southern California Water Company as a
20 major water provider in California would like to be involved
21 in that process and would willingly volunteer its resources
22 in order to assist that process in going forward.

23 MEMBER SILVA: Thank you.

24 MR. FIFE: My third set of -- you thought I was done.

25 I'm also providing comments by the Great Spring Waters

1 Company of America. This is a parent company for bottled
2 waters supply company such as Arrowhead and Perrier. Great
3 Spring Waters of America produces springwater from
4 groundwater resources throughout California for the purpose
5 of bottling the water and making it available for literally
6 millions of Californians.

7 The spring waters are routinely withdrawn from bore
8 holes that must satisfy the standards of California
9 Department of Health Services and the United States Food and
10 Drug Administration in order to qualify as springwater.
11 That is the water extracted must be deemed not to be under
12 the influence of surface water before Great Springs may make
13 use of that supply.

14 The majority of our springwater supply requirements are
15 met through groundwater bore holes. Virtually our entire
16 California operation depends on the ability to continue
17 extracting springwater from existing sources. Hopefully,
18 you can appreciate then that we have a great interest in the
19 Professor Sax's report and why the company is very concerned
20 about the development of a new rule or test for classifying
21 groundwater that might apply to these existing facilities.

22 None of the existing bore holes are located within or
23 draw water from known and defined channels, nor do they
24 produce springwater from depths that would be subject to
25 surface water influence. Nevertheless, the company is

1 concerned that the adoption of a practical impact test
2 proposed by Professor Sax would create added risk and add
3 unnecessary regulatory burden for the company by casting a
4 net over some of our existing operations and investments.

5 If the new impact tests proposed by Professor Sax were
6 applied retroactively by the State Board, it could serve to
7 materially damage the company business' interests and it
8 could do so without any demonstration of a need to adopt
9 different regulatory standards. The historical legal
10 presumption in California, as in most states, is that
11 groundwater is presumed to be percolating groundwater. As
12 the company understands it, despite the presumption, the
13 objective test proposed by Professor Sax will shift the
14 burden to existing users to prove that the water they would
15 draw through the bore holes is percolating.

16 As a result, the company could be required to assume
17 added legal engineering expenses. Its delivery of drinking
18 water to millions of Californians could be impaired or
19 disrupted. Most importantly decades of reliance and
20 millions of dollars could be placed at risk by the Board
21 imposing new or different requirements than those that
22 already exist.

23 So again, Great Spring Waters of America would like to
24 emphasize to the Board that any test or any new standard
25 that they adopt should only be applied on a going forward

1 basis and all existing uses should be grandfathered the way
2 they were grandfathered with the 1914 Water Code. Again,
3 Great Springs would like to offer its support for any
4 technical process moving forward and would like to volunteer
5 whatever resources it can add to that process.

6 MEMBER SILVA: Thank you.

7 Wes Strickland, U.S. Marine Corps.

8 MR. STRICKLAND: Thank you. My name is Wes Strickland.

9 I am here today representing the U.S. States Marine Corps.

10 The Marine Corps has a number of facilities located in
11 California, all of which use local water. Almost all of
12 which use local water. Most notably, Camp Pendelton located
13 on the coast between L.A. and San Diego County, which is the
14 only amphibious Marine Corps training base on the West
15 Coast. Also bases at Twenty-Nine Palms, warfare training
16 center in Bridgeport, California, and several other bases
17 which do not use local sources of water.

18 Our comments today are mostly defensive in nature,
19 should say. Started reading Professor Sax's report more as
20 an intellectual exercise than thinking it was going to apply
21 to us in any particular way. But we were interested to see
22 that, in fact, Professor Sax's report cites one of the cases
23 involving the United States several different times. That
24 is the United States versus Fallbrook Public Utility
25 District case. And we were concerned with one of the

1 citations which Professor Sax made to that report and its
2 use in supporting one of his propositions.

3 The test that Professor Sax proposed is point number
4 six, was that the foregoing presumptions should not be
5 applied in cases of longstanding hydrologic
6 disconnection. And in support of that he cited factually
7 places where groundwater pumping over long periods of time
8 had caused such hydrologic disconnection. Add the citation
9 which he gave was to our case and to the Murietta area
10 groundwater area, which is the upper basin of the Santa
11 Margarita river in Riverside County at that point.

12 The concern that the base has with this is several
13 different prongs to it. First of all, we would note that
14 when you look at the citation, the citation which he makes
15 to the U.S. District Court opinion case, talks about a
16 testimony of one expert in the case who had determined that
17 there was reverse gradient existing at the place of pumping
18 in the upper basin in the Murietta area.

19 And the Marine Corps took a look at that to determine
20 exactly what was going on there. And turns out that
21 according to all the records that we have, and even though
22 in the district court case it appears that the testimony
23 came from our own expert witness, we have been unable to
24 determine exactly what the source of that testimony
25 was. And certainly according to review all of the data

1 which we have currently, there has not been a reversal of
2 gradient in that area. Now, there has been a reduction in
3 the gradient, certainly, and the traditional groundwater
4 gradient, but not an actual reversal.

5 So we would suggest that the use of that example as an
6 example of a place where such a rule should be applied is
7 inappropriate. In fact, there is no hydrologic
8 disconnection. We have a memo from Stetson Engineers
9 attached to the letter which -- a commented letter which we
10 provided earlier which supports that.

11 The second issue we have with that citation is that it
12 took place -- the surrounding discussion of the District
13 Court was about what changed circumstances justified not
14 enforcing an earlier stipulated judgment between parties to
15 a state lawsuit which was actually the settlement in the
16 Superior Court between the parties and the case ended up
17 going earlier to California Supreme Court, Rancho Santa
18 Margarita versus Vale. And it would be important to note in
19 that case the 1940 stipulated judgment between the parties
20 the District Court eventually held that the stipulated
21 judgment should not be enforced because of these changed
22 circumstances, such as long-standing hydrologic
23 disconnection. But it should be noted that that holding was
24 reversed by the Ninth Circuit in 1965, a couple years after
25 the District Court opinion that Professor Sax noted.

1 So there is no support in the legal precedent,
2 certainly not in that case in particular, for the notion
3 that a longstanding hydrological disconnection, if objected
4 to, should be allowed to go forward. We would not think
5 that it would be appropriate for the State Board to
6 relinquish its jurisdiction in such a case, if it otherwise
7 would be appropriate.

8 As a matter of fact, just one further example of this
9 is that only about two weeks ago the United States and
10 Rancho California Water District, who was another major
11 party to the U.S, versus Fallbrook Public Utility District
12 litigation, signed a new cooperative water resource
13 management agreement which implemented the terms of the 1940
14 stipulated judgment for modern times. So, certainly,
15 Professor Sax's note that any kind of longstanding
16 disconnection should cut off the jurisdiction of the Board
17 because it would be making preexisting conditions
18 inapplicable, would not apply.

19 The other independent comment we would have on the
20 report is just that in part five Professor Sax noted or he
21 discussed the fact that if the State Board's jurisdiction
22 was expanded in its scope beyond the traditional precedence
23 that the Board has made earlier, then there would be any
24 pumper of the new groundwater which used it for an overlying
25 parcel could be considered to be a riparian and making

1 riparian use of that water, and, therefore, still not be
2 subject to the appropriative rights permitting system of the
3 State Board. And we would like to just provide a comment
4 that we would believe that that notion would be correct.
5 There is some comments in the technical appendices, I
6 believe, to his report to indicate there was some debate as
7 to whether or not such a overlier would actually have
8 riparian rights. We believe that out extension of riparian
9 rights to those waters, even though they may fall within a
10 new expanded definition of State Board jurisdiction over
11 appropriate withdrawals of surface water. We would argue if
12 the Board decides to expand its jurisdiction that any such
13 decision would include a statement that any groundwater or
14 pumper of that water which used it for an overlying parcel
15 would, in fact, be a riparian.

16 Thank you.

17 MEMBER SILVA: Thank you.

18 Ray Wellington, San Antonio water.

19 MR. WELLINGTON: Thank you, Mr. Chairman, members of
20 the State Board staff. My name is Ray Wellington. I am
21 general manager of the San Antonio Water Company. And it is
22 a company that has been in business of delivering and
23 managing water 120 years. So we have a slight history and
24 experience with that particular subject.

25 After reading Mr. Sax's report I think the State Board

1 is to be commended for following this procedure because I
2 think it has been very beneficial in disclosing a number of
3 pertinent facts to this issue. It was compiled and
4 described or has described many issues involved, not all of
5 which are real simple, not all of which do we confer with as
6 a company.

7 It recognizes the complexity and responsibilities of
8 water management. Good system with the state constitution.
9 It provides a guidance framework for improved administration
10 under existing authority, and even though some people have
11 questioned whether the guidance is there clear enough or
12 whether it needs to be more definitive, it still seems to
13 present some framework for areas that could provide
14 refinements to the practices and policies followed by the
15 State Board.

16 It also, as has been mentioned by others, acknowledges
17 that their existing models of groundwater management,
18 particularly those in Southern California that have proven
19 successful in the management of water resource within their
20 respective areas. Recognizing the information that has been
21 brought to light and the significance of the history of
22 water management and water law in the State of California, I
23 have basically two encouragements to offer the State Board.

24 One, please continue operating under existing
25 authorities and work to include those refinements derived

1 from this beneficial review. And, yes, there is no doubt
2 that the water industry as a whole can be a helpful ally in
3 doing so.

4 Secondly, to avoid injecting the Board's authorities
5 into existing or future water management programs. Those
6 could be adjudications. They could be some form of a
7 contractor or other agreement whereby parties have gotten
8 together and adopted structures for the proper management of
9 the local water resources particularly where those
10 accomplishments are resulting in responsible resource
11 management. We concur that there should not be waste or
12 negligence exercised in the water resource management and we
13 believe there is some key incentives in place to see that
14 that does not happen. Maybe some incentives or some
15 locations or situations may require some additional
16 encouragement. But, frankly, my experience here in the
17 Southern California area in various locations is that local
18 producers do have both the liabilities and responsibilities
19 to perform under many other areas of statute and case law.

20 We also have one heck of an incentive. If we deliver
21 contaminated water or if we hurt our own water supply, we
22 lose.

23 Secondly, the local producers offer the opportunity to
24 timely identification and reaction to local issues. Many
25 times simply going through higher level of government can

1 defer, delay the responsible reaction.

2 And with that, thank you for the opportunity to be
3 heard on the issue.

4 MEMBER SILVA: Thank you.

5 Stacey Aldstadt.

6 MS. ALDSTADT: He is a hard act to follow. I would
7 have to agree with everything he said. My name is Stacey
8 Aldstadt. I'm the City of San Bernardino Water Department.
9 I am the Deputy General Manager. We are located at 300
10 North D Street, San Bernardino, California.

11 I have to say my comments will be very brief because I
12 think you have already indicated fairly clearly the
13 direction the State Board is going to go, and I don't want
14 to belabor the point.

15 MEMBER SILVA: You don't want to change our mind?

16 MS. ALDSTADT: Yes. I should say that I think
17 probably echoing what a couple of people have said so far.
18 I came to California ten years ago. It's taken me almost
19 ten years to figure out your water law. And all I can say
20 as a personal plea, please don't change it because I'd have
21 to start all over again.

22 MEMBER SILVA: I'm in the same boat.

23 MS. ALDSTADT: I think you may have heard from our
24 counsel up in Northern California.

25 MEMBER SILVA: Yes.

1 MS. ALDSTADT: I think he was probably a fairly
2 memorable presentation. But I did want to give a face to
3 the City of San Bernardino Water Department and let you know
4 that we are concerned about some of the recommendations that
5 Professor Sax made in his report. We do feel that, as the
6 gentleman preceded me very eloquently said, is a matter of
7 local concern. I think that even at the federal level the
8 federal government has been recognizing that watershed
9 management is one of local concern, and adding an additional
10 bureaucratic government layer to the decision making process
11 when you are trying to deal with local resources will, in
12 fact, delay and slow the process, and I don't think you are
13 going to get the best results.

14 Our city's 100 percent reliant on groundwater. We do
15 not have surface water rights whatsoever. We do have a
16 small amount. And so if you take the system to its logical
17 conclusion, the one that is recommended in Professor Sax's
18 report, what you do is you stand basically almost 200 years
19 of water law on its head, and it does throw the system into
20 a state of chaos, and we can't afford that.

21 San Bernardino's, I think, pretty well known for
22 struggling for recovery. And one of the things that we have
23 that many people don't have is a lot of groundwater. And if
24 we lose the economic benefits of that groundwater, it is
25 going to be catastrophic. We are not merely talking about

1 capital costs. We are not talking about the cost of
2 putting wells in, putting pipelines in and those things. We
3 are talking about the growth, the potential for growth in
4 our area. And so when you take a look at Professor Sax's
5 recommendations, keep in mind that once again you do have
6 the fate of growth in your hands for many cities and
7 regions.

8 I'm going to address the process which is what you, I
9 think, are trying to focus in on at this point. I think
10 that I can also say that I think this has shown you very
11 clearly that what you do now works pretty well. I think
12 that it's clear to me that the burden of proof should be on
13 the party that is coming forward. Because of what I have
14 heard from the scientific community, it doesn't sound as
15 clear to me as perhaps it is to them. And if somebody is
16 going to be a proponent, then they should bear the cost and
17 burden of going forward and you, your staff, should not be
18 in a position of having to do the leg work for them. That
19 is -- one other part of my comment is that I know that
20 procedurally if your staff is involved in the investigative
21 part of these petitions, then they lose their ability to be
22 objective. I think that is important that you maintain your
23 objectivity and your ability to make a fair assessment. I
24 think when you place your staff in a position as going
25 forward as investigators that they lose some credibility.

1 And that is not casting aspersions.

2 MEMBER SILVA: Actually, we did get a couple of
3 comments on that point yesterday.

4 MS. ALDSTADT: I just think it puts staff in an
5 uncomfortable place.

6 Finally, in terms of formal rule making, all I can say
7 is that if I thought that California water law was obtuse,
8 the formal rule making process in the state of California is
9 more so, in my opinion. But I'm glad that you agree with
10 me, that you don't want to go through a formal rule making
11 process on this. Your process works well. I think what
12 you've heard over the last couple of days is that your
13 process does work well, and people want to keep it the way
14 it is, and that you have the power to destroy and disrupt an
15 awful lot of business and community interests.

16 I thank you for listening to me.

17 MEMBER SILVA: Thank you.

18 That is all the cards I have.

19 Anybody else that didn't put a card in want to say
20 anything?

21 If not, I thank you very much. Again, we at the Board
22 have really not decided how we are going to proceed.

23 Although it is obvious we have to come back with some
24 recommendations on all the comments we've gotten.

25 But, again, at this point, given the comments, it looks

1 fairly straightforward. So once we decide we'll let you
2 know. Obviously, it will be in a public forum.

3 Again, thank you very much for your comments.

4 Good afternoon.

5 (Hearing adjourned at 11:50 a.m.)

6 ---oOo---

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

